

N

NAEGELI

DEPOSITION AND TRIAL EXPERTS

CORPORATE HEADQUARTERS
111 SW FIFTH AVENUE
SUITE 2020
PORTLAND, OR 97204
800.528.3335

THE NAEGELI ADVANTAGE

technology
service
price



NaegeliUSA.com

**NORTHWEST POWER AND CONSERVATION COUNCIL
DRAFT SEVENTH POWER PLAN
PUBLIC HEARING**

**HELD ON
FRIDAY, NOVEMBER 13, 2015
5:03 P.M.**

**BEST WESTERN
2811 NORTH 20TH AVENUE
PASCO, WASHINGTON 99301**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

APPEARING ON BEHALF OF NORTHWEST POWER

AND CONSERVATION COUNCIL:

Phil Rockefeller, Chair, Washington

Bill Booth, Vice Chair, Idaho

Tom Karier, Member, Washington

NORTHWEST POWER AND CONSERVATION

COUNCIL STAFF:

Tom Eckman, Power Planning Director

1 **PUBLIC HEARING**

2 **HELD ON**

3 **FRIDAY, NOVEMBER 13, 2015**

4 **5:03 P.M.**

5
6 **MR. KARIER:** Good evening and welcome.

7 I'm Tom Karier, I'm a Washington member of the
8 Northwest Power and Conservation Council, and to my
9 right is Bill Bradbury, who is an Oregon member of
10 the Council, and to my left, Phil Rockefeller, who's
11 another Washington member from the west side.

12 **CHAIR ROCKEFELLER:** Good evening.

13 **MR. KARIER:** And I -- welcome to the Tri-
14 Cities. And, as you know, the Council is working on
15 the Seventh Power Plan and this is a public hearing
16 to take testimony on that tonight.

17 I have an official statement to read that
18 we read at each of the hearings, and it's -- because
19 we want it to be the same instructions, I'm going to
20 actually read it. So bear with me as I work through
21 this.

22 Welcome to the public hearing held by the
23 Northwest Power and Conservation Council on the
24 Council's Seventh Northwest Power Plan.

25 The Northwest Power Act directs the

1 Council to develop a regional conservation electric
2 power plan and to review that plan every five years.
3 The Council is now engaged in its latest five-year
4 power plan review. As a part of this effort, the
5 Council released the draft revised plan on October
6 20th for public review and comment.

7 The Council will be accepting written
8 comment on the draft power plan until December 18th.
9 The Council will also hold public hearings like this
10 one to receive oral comments on the draft plan in
11 all four northwest states over the next six weeks.

12 If you would like to comment on the draft
13 plan at this hearing, please sign in on the sheet
14 provided for that purpose. It was outside on the
15 table there. And you may also leave written
16 comments with us this evening, if you desire.

17 Your comments tonight will be recorded,
18 placed in the Council's administrative records for
19 the power plan review and, most importantly,
20 considered by the Council, those of us here as well
21 as those who aren't who will read the testimony.
22 The same is true for all written comments submitted
23 to the Council.

24 For those of you who intend to testify
25 this evening, your name will be called in the order

1 you signed up. Please begin your testimony by
2 stating your name and, if you represent an
3 organization, let us know that for the court
4 reporter. If you want your name spelled properly
5 for the record, you should probably tell -- you will
6 need to spell your name as well.

7 Your full written statement will be
8 included in the official record. In the unlikely
9 event that we have -- well, this is not going to be
10 that unlikely event, so I'll skip that.

11 We will leave the official record open for
12 a period of 10 days if you want to add written
13 comments to your specific testimony, you can do that
14 within 10 days. All public comments submitted to
15 the Council, including oral testimony, will also be
16 posted on the Council's website as soon as possible.

17 I think we're talking about a matter of
18 days rather than weeks, but you should be able to
19 see that there. For information on the proposed
20 power plan, I would direct you to visit the
21 Council's website, www.nwcouncil.org. Again,
22 nwcouncil.org. You may submit comments by using the
23 provided comment link, so you can do it there very
24 easily as well.

25 So that is the opening statement for the

1 hearing. What we plan to do is give a very short
2 presentation, an overview of some of the highlights
3 of the plan. I think we can do that probably in
4 about 10 minutes usually. And Tom Eckman, our
5 staff, will do that, and then we'll get right into
6 the testimony.

7 So far, we didn't have very many people
8 sign up and so, after we've gone through the people
9 that have signed up, anyone else is free to make a
10 comment. So you can think about that as we go
11 through this if you have comments or even questions
12 for us.

13 Tom.

14 **MR. ECKMAN:** We'll keep this brief so you
15 folks can provide your comments rather than the
16 staff making comments.

17 First of all, I'll go through a little
18 summary of why we have a power plan. The principle
19 statutory requirement is that the plan develop a
20 reliable and economical power supply for the
21 northwest for the next 20 years. It has to have in
22 it guidance for Bonneville in particular in its
23 resource decision making. That's its fundamental,
24 core concept.

25 The major elements of the plan include a

1 forecast of future need, a resource plan to meet
2 that need, and we update that every five years. So
3 we are in the seventh rotation of that process.

4 The big finding with this plan, and as it
5 has been in past plans, was energy efficiency and in
6 this case, a demand response by the principle
7 resources that meet most of the energy needs and
8 capacity needs going forward.

9 Using the wedge charts that we see, on the
10 vertical axis is the amount of annual energy and on
11 the horizontal axis is time. We see the green
12 wedge here being energy efficiency. We develop
13 between 2016 and 2035 about 4,500 average megawatts
14 of energy efficiency, some natural gas starting
15 around 2026 comes in on average, with renewable
16 resources, solar and wind, coming in post-2025 or
17 so, largely to meet the states of Washington and
18 Oregon and Montana's renewable resource portfolio
19 standards.

20 On the capacity side, again, big
21 development going forward is that 4,500 average
22 megawatts of energy efficiency produce winter peak
23 offsets of on the order of 10,000 megawatts or a
24 little bit more. So the principle resource
25 development called for in the plan to meet both

1 energy and capacity, peak winter capacity is energy
2 efficiency.

3 Topping that, the next one in the cue is
4 demand response, which is the voluntary curtailment
5 of energy during peak periods of time. Usually
6 reimbursed somehow by the utilities to make sure
7 that the customer turns down their thermostat or
8 turns off their industrial process or something like
9 that.

10 On top of that, we see some natural gas
11 resources coming on at the tail end and wind and
12 solar PV at the end of that process. Let's go back
13 down. You bypassed those too fast.

14 Hello, folks. Here we go. Sorry. Wind
15 and solar coming there and you can't see it.
16 Couldn't see it because they went too fast, but now
17 you can see them even while it's there. Why?
18 Because they don't provide much winter capacity.

19 The wind doesn't blow when it's extremely
20 cold and the sun doesn't shine around here much in
21 the winter. And so we don't see them providing much
22 resource like they do elsewhere in the country where
23 they have a summer peak. We have a winter peak.
24 These aren't running at that period of time.

25 When we look at load growth over the next

1 30 years -- or 20 years, this is the net load growth
2 after efficiency, which we started around a little
3 over 20,000 gigawatts -- or 20,000 megawatt hours --
4 20,000 megawatts of juice being used in 2016 and we
5 end up pretty much at the same place.

6 Energy efficiency supplies, on average,
7 most of the load growth. Without energy efficiency,
8 loads would look like this. That's the wedge of
9 energy efficiency we see developing over the next 20
10 years, about 4,500 megawatts meeting the bulk of
11 load growth and, on average, meeting all load growth
12 through the year 2035.

13 Another thing that was recognized in the
14 Sixth Plan was there were a lot of opportunities for
15 federal standards. This green -- or this red wedge
16 shows the development of federal standards and the
17 impact on loads that those standards have.

18 So we had 6,000 megawatts of energy
19 efficiency coming online in the Sixth Plan. If you
20 add the 4,500 to the 1,500 average megawatts we're
21 going from standards, we're back to 6,000. So the
22 answer in the Sixth Plan and the Seventh Plan net
23 load growth is zero after you account for
24 conservation.

25 If you look through various scenarios,

1 we've done 20-plus, but we're just going to show you
2 four, this is the existing policy case. This
3 assumes that we don't have any new RPS. We don't
4 have any carbon control standards beyond the
5 regulations now that EPA has promulgated and we
6 don't change cap and trade systems or anything like
7 this. So those are existing policies. That's the
8 net load growth line that we see after energy
9 efficiency.

10 In the carbon cost risk case, we add
11 carbon costs between zero dollars in the near term
12 up to \$50 a metric ton in the long term, and we see
13 basically the same result. The amount of energy
14 efficiency, the amount of renewal development, the
15 amount of other development is pretty much identical
16 in both those scenarios.

17 If we have low gas prices, which average
18 something under \$3 a million metric -- a million BTU
19 going forward, we basically see the same answer.
20 The amount of energy efficiency development doesn't
21 look all that dissimilar to the existing policy
22 case, even when we limit the world to low gas
23 prices.

24 When we specifically look at lower
25 conservation, buying conservation only up to the

1 price of wholesale market, this is pretty cheap. We
2 go less. That's the red line. Then we see net load
3 growth actually exceeding where we start by the time
4 we get out to 2035.

5 But through the first 10 years, through
6 2030 -- through the first 15 years to 2030, we still
7 meet all load growth with energy efficiency.
8 There's enough cheap conservation out there to do
9 that. It's less costly than going to market.

10 If we follow that particular principle,
11 however, the cost of that scenario is \$14 billion
12 more than doing the 4,500 megawatts. You go up
13 1,200 megawatts less, we end up paying \$14 billion
14 more in other resource development cost.

15 When we look at the carbon situation, this
16 chart starts at the top with the average emissions
17 for the northwest power system, carbon dioxide,
18 between 2000 and 2012, it's about 55 million metric
19 tons a year by the time we get to 2035.

20 If we don't retire the coal plants that
21 have already been announced for retirement, that is,
22 Centralia, Boardman and North Valmy, one in Oregon
23 and one in Washington and a unit in Nevada, we get
24 down to 45 million metric tons a year in that
25 scenario and we're building energy efficiency, we're

1 adding renewals in that scenario, but we're not
2 retiring coal plants. We only -- we're down about
3 10 million metric tons from those other efforts.

4 If we take the existing policy, which
5 includes those retirements, we drop another roughly
6 10 million down to 34 million metric tons. So the
7 existing policy case, assuming that Boardman,
8 Centralia and Valmy close and we build 4,500
9 megawatts of energy efficiency, gets us down to 35
10 million metric tons a year of carbon emissions for
11 the power system.

12 Under the best case that we looked at,
13 maximum carbon reduction down at the bottom, we can
14 get down from 55 to 8 -- to 12 million metric tons a
15 year. That's about an 80 percent improvement
16 through what we know how to do today with the
17 existing technology.

18 We can get down the rest of the way with
19 technology that may emerge over the next decade or
20 so in terms of renewables, small modular reactors
21 and other non-carbon-emitting resources. That's 80
22 percent improvement with what we can do today.

23 When we look at the cost of that, if we
24 try and do it with renewable portfolio standards,
25 it's about a \$35 billion incremental cost to get

1 from 34 to 29. If we take and simply retire -- and
2 simply is in quote here -- simply retire existing
3 coal plants and reduce the amount of generation from
4 natural gas inefficient plants, we can get down to
5 12 for incremental costs at \$20 billion, and this is
6 on a base of about almost \$90 billion investment
7 over the next 20 years in the power system. So if
8 you're looking for a payoff, there are other ways to
9 get there, but they are politically problematic.

10 And the resource strategy that comes about
11 in all this, targeting 1,400 average megawatts of
12 energy efficiency by 2021, as I said, 4,500 by 2035,
13 encouraging the development of demand response. We
14 think that's a cheap way to build capacity when we
15 need resources, when we don't have very good water,
16 that is, there's not much snow, not much rain and
17 the weather conditions get really bad, cold, in
18 particular.

19 We think there's another alternative that
20 might be going to the market. The desert southwest
21 and California market might be a viable source of
22 that competing winter capacity, but that also has
23 risks and liability associated with it.

24 Renewable resources. We want to encourage
25 development of renewable resources that have winter

1 capacity. That would be great. We presently don't
2 have those. So finding technology that moves that
3 in that direction, non-carbon-emitting resources
4 that can provide reliable output like geothermal or
5 wave or some other non-carbon-emitting resource, in
6 terms of renewables, looks like a good goal.

7 When we look at natural gas, we see
8 principally what natural gas does, particularly
9 existing natural gas -- when we turn off coal plants
10 in this region, existing natural gas plants go up in
11 their yields. And that's a way to reduce carbon at
12 the lowest cost.

13 We also see a limited need for new natural
14 gas development going forward. As those first
15 charts showed, it's 2025 and beyond before we see
16 much probability of gas development, new gas
17 development.

18 Regional resource use. We sell a lot of
19 surplus out of this region right now. Calling some
20 of that back to avoid additional generation in this
21 region has some benefits in terms of it meeting
22 adequacy standards, but it also has some cost shifts
23 associated with that.

24 And finally, we need to expand resource
25 alternatives, both for energy efficiency and

1 renewables or non-greenhouse gas-emitting resources,
2 enhanced geothermal, wave and SMRs.

3 And adaptive management. About two and a
4 half years from now or so, the Council will
5 reconvene and do a midterm assessment about how well
6 things are going, and the real world will have
7 materialized by then instead of the fake one we
8 invented and we'll figure out whether we got it
9 right or not. So let's stop there and let you have
10 the floor.

11 **MR. KARIER:** Okay.

12 **MR. ECKMAN:** Clear off the table.

13 **MR. KARIER:** Thanks, Tom.

14 And, let's see. This would be a good time
15 to turn off your cell phones if you haven't done
16 that already. I just did my two cell phones, so
17 I'll learn.

18 Last night we had a hearing in Spokane, we
19 had about 35 people, and next door to us was a group
20 called the Flying Irish. And it turns out they're a
21 drinking and running club and they weren't doing
22 running at that time.

23 **(Laughter.)**

24 **MR. KARIER:** It was difficult to hear
25 people. I'm looking forward to a more quiet evening

1 for our testimony today. So as I call your name,
2 come on up and take a seat and, again, state your
3 name first and then we'll hear the correct
4 pronunciation of it. And also, again, your
5 organization or spelling for it. So Chad Bartram
6 first. Welcome, Chad. Hi.

7 **MR. BARTRAM:** Good evening. My name is
8 Chad Bartram. I'm general manager of Benton PUD
9 located across the river in Kennewick. Welcome to
10 the Tri-Cities.

11 I want to express our thanks for the
12 Council holding these meetings. I think you've
13 shown a very transparent process, your outreach
14 leading up to the issuance of the plan and your
15 efforts to travel throughout the northwest seeking
16 feedback. So I really do appreciate your efforts
17 here.

18 By way of context, a little bit about
19 Benton PUD. We have over 50,000 customers. Our
20 customer loads are 204 average megawatts, but we
21 have a summer peak load of 430 megawatts. Power
22 costs represent 60 percent of our -- Benton PUD's
23 total expenditures, and certainly this process has
24 an influence on those.

25 I have three primary comments relative to

1 the plan which relate to energy efficiency, natural
2 gas prices and CO2 emissions. First, relative to
3 energy efficiency, the Seventh Plan executive
4 summary states that energy efficiency consistently
5 proved the least expensive and least economically
6 risky resource. We agree.

7 Benton PUD has a long history of
8 supporting energy efficiency in our service
9 territory. Since 2010, Benton PUD has invested \$21
10 million in energy efficiency projects, and we
11 project that our \$21 million investment will result
12 in over \$40 million in avoided power purchases over
13 the last several -- or for the next several years.

14 So while we agree on that larger point on
15 the value of energy efficiency, we note that the
16 plan provides a single point energy efficiency
17 target of 1,400 average megawatts for the region
18 over the next six years. We would suggest
19 establishing a range target as opposed to a point
20 target, recognizing that conservation investments
21 are lumpy and sometimes unpredictable.

22 At Benton PUD, when working on our -- with
23 customers on large projects, we have found that the
24 planning and implementation sometimes takes years,
25 and the timing of these projects often changes due

1 to customer budgets and constraints. As such, a
2 range target may be more appropriate.

3 Relative to natural gas prices, I know
4 that this -- they move up and down. I heard the
5 comments yesterday at the Spokane meeting. We
6 understand that the natural gas price assumptions
7 were based on inputs from the summer or fall of
8 2014, I believe, which are higher than current
9 forecasts, and since natural gas prices are a key
10 input to the plan, we would recommend that the
11 inputs be updated and more recent information used,
12 if possible.

13 Finally, related to the renewable
14 portfolio standards and CO2 emissions, as Tom
15 indicated in his presentation, we find it
16 particularly noteworthy that a key finding of the
17 plan is that increasing renewable portfolio
18 standards reduces the smallest CO2 emission
19 reductions and is the highest cost emissions
20 reduction resource strategy.

21 To date, as we all know, state policy
22 responses within the region have focused on
23 renewable portfolio standards and we certainly
24 acknowledge that the existing investments in
25 renewable generation are a component of the planned

1 resource portfolio and have had some benefit.

2 However, looking to the future, increasing
3 state renewable portfolio standards are the most
4 costly and produce the least emissions reductions,
5 so we would encourage the Council to stress that key
6 finding. I'm not sure if that's -- it's maybe a
7 little bit counterintuitive, so we recommend that
8 you stress the key finding to policymakers within
9 the state.

10 In closing, I would like to quote the plan
11 relative to our hydroelectric system, and it states:
12 The federal Columbia River power system provides
13 low-cost and carbon dioxide-free energy, capacity
14 and flexibility. And in my mind, that's a grand
15 slam. We should not forget that our system of
16 hydroelectric dams is the backbone of our northwest
17 economy. So that concludes my remarks and thank you
18 very much, again, for being here.

19 **MR. KARIER:** Thanks, Chad.

20 Next we have Marc Krasnowsky. Evening,
21 Marc.

22 **MR. KRASNOWSKY:** Hello, Tom.

23 Hi. I'm Marc Krasnowsky, M-a-r-c K-4-a-s-
24 n-o-w-s-k-y. I'm the communications director for
25 the NW Energy Coalition. That's spelled N-W Energy

1 Coalition. As communications director, I get all
2 het up about things like that.

3 As you know, the coalition has been deeply
4 involved in the Seventh Plan, as it has been in
5 every plan since we were formed to monitor the plans
6 back in 1981, and I'm not going to bore you all with
7 a whole lot of things that you've heard from us
8 during the process and will hear from us again in
9 our copious written comments.

10 I would like to say that we're very
11 supportive of the energy efficiency goals, which we
12 would consider to be a floor rather than a ceiling.
13 Energy efficiency is tremendous in terms of saving
14 money for consumers, reducing pollution and creating
15 economic rollovers with a dollar saved that the
16 Council has said creates tens of thousands of jobs
17 over the period.

18 We also applaud the focus on demand
19 response to meet big needs. We note that in earlier
20 drafts of the draft, there had been a stated goal of
21 700 megawatts and that a secondary number that -- it
22 was in the 90th percentile, I believe, was 1,100.
23 We would like to see a target reinserted in the
24 final Seventh Plan. We would like to see it, you
25 know, a range of 700 to 1,100 megawatts.

1 And we're also pleased that -- with the
2 emphasis on low-income and other hard-to-reach
3 sectors getting their fair share of energy
4 efficiency savings. All electricity consumers pay
5 for energy efficiency in their bills and all should
6 be -- should receive benefits from them, even if
7 they can't afford to go out and buy a high-
8 efficiency appliance. We're going to have to do
9 programs so they can do that.

10 Those are our main points, but on a more
11 personal level, this is my third power plan --I came
12 in on the Fifth and the Sixth -- and it's
13 undoubtedly my last as a member of the NW Energy
14 Coalition. In fact, I would have been retired
15 already, but I wanted to stay through this.

16 My job allows me to work with the smartest
17 people I've ever met, and I include the staff and
18 Council -- the Council staff and Council members in
19 that. My hope is that going forward, the Council
20 will commit its fantastic computing, modeling and
21 analytical expertise and capacity to addressing a
22 couple of leftover issues in the Seventh Plan.

23 The first is on salmon recovery. We have
24 produced a white paper, which I think you've all
25 see, which we consider a rough draft of the cost,

1 strictly the power system cost of taking out the
2 four Lower Snake dams and replacing their power.

3 We have analyzed the cost of maintaining
4 those dams -- just the power system costs, not the
5 waterway costs -- and subtracted that from the cost
6 of replacing the power with a mix of utility scale
7 solar and market purchases and paying the social
8 cost of carbon for the carbon fraction of the grid
9 purchases.

10 And when you put all that together and
11 figure it down to the cost per consumer per meter,
12 residential meter, it works out to about a dollar a
13 month, which is, you know, which is pretty
14 reasonable to save, you know, a dozen endangered
15 species, perhaps, but certainly a couple --
16 certainly the Idaho stocks.

17 As I said, that's -- we don't have the
18 computing and, you know, all the workability, the
19 time and resources to do a really detailed job of
20 that. We're hoping that the Council will do that
21 and that it will use the best verifiable data to go
22 in there, rather than -- we need to be critical of
23 what the data is because some of the data is really
24 outdated in terms of what the cost for refurbishing
25 and maintaining the existing dams is. So hope

1 you'll do that.

2 Finally, I want to -- the capacity issue,
3 the winter peak capacity issue. You know, this is a
4 problem that happens -- that supposedly will arise
5 for a couple hours every couple of years, and it
6 seems that we ought -- that the Council ought to
7 look at this as a challenge to address and overcome,
8 rather than letting it become a rationale for
9 building new fossil that's going to be around for
10 20, 30, 40 years to address a very short-term
11 problem, a real problem, but a short-term one.

12 So, let's find solutions to this instead
13 of letting it become that rationale. If we -- as
14 someone last night was saying, you know, I'll put it
15 a little bit different way, you know, when it comes
16 to natural gas plants, if we build them, they will
17 run. And that's not going to help us get to our
18 emissions reductions goals.

19 So, for the third time, I applaud the
20 Council for what it's done and I look forward to
21 improvements to come in the Eighth Plan.

22 **MR. KARIER:** Thanks, Marc. Mike Paoli.

23 **MR. PAOLI:** Thank you. Thank you, Chair
24 Karier, Councilman Bradbury, Councilman Rockefeller,
25 ladies and gentleman. I am Michael Paoli, P-a-o-l-

1 i, Mike, the public information officer for Energy
2 Northwest, representing more than 1,100 employees
3 and 1,300 megawatts of nuclear, wind, hydro and
4 solar generation.

5 Our CEO, Mark Reddemann, and the staff of
6 Energy Northwest were very pleased to read a draft
7 that reflects a great deal of research and thought
8 toward meeting our region's future energy demands in
9 a responsible and cost-effective manner.

10 The Council's emphasis on reaching carbon
11 reduction targets, principally through use of
12 existing natural gas combined with efficiency and
13 demand response, reflects Energy Northwest's support
14 for a diverse future energy mix that continues to
15 reduce free general carbon emissions. It is
16 certainly clear to us that increasing state
17 renewable portfolio standards is not a cost-
18 effective means for the region to decrease carbon
19 emissions going forward.

20 As the owner-operator of the region's only
21 nuclear energy facility, one of 99 in the United
22 States that generate 19.5 percent of our nation's
23 electricity, we certainly support the potential
24 stated in this draft plan for small modular reactors
25 and advanced nuclear energy, the acknowledgement of

1 our nation's abundant and controllable nuclear
2 energy fuel supply and the awareness of nuclear
3 being immune to both high natural gas prices and
4 climate policy, or the potential thereof for high
5 natural gas prices.

6 Although back east five nuclear reactors
7 will be completed and online by 2020, providing
8 5,600 megawatts of capacity that keeps pace with
9 recent nuclear retirements, we will have no need for
10 such large nuclear generation anytime soon here in
11 the northwest. Small modular reactors, however,
12 combined with natural gas and renewables, hold great
13 potential, as the plan states, for incrementally
14 providing generation for the region when demand
15 calls for it.

16 So we appreciate the hard work and thought
17 that the Council and staff have put into this
18 document, and the opportunity to make public comment
19 here tonight. Thank you very much.

20 **MR. KARIER:** Thanks, Mike.

21 Dora Morfin. Welcome.

22 **MS. MORFIN:** Good afternoon. My name is
23 Dora Morfin, M-o-r-f-i-n, and I just want to thank
24 you guys for giving us the opportunity to give our
25 feedback here in the Tri-Cities. And I just want --

1 I just want to ask you guys to, as you guys finalize
2 the plan, to assure the low-income families that
3 they also have a share in the energy savings. Thank
4 you.

5 **MR. KARIER:** Thank you. Is there anybody
6 else in the audience? That exhausts my list that I
7 have here.

8 Come on up.

9 **MR. VON REIS:** Okay.

10 **MR. KARIER:** And just have a seat and
11 introduce yourself.

12 **MR. VON REIS:** I will. Thank you. My
13 name is John von Reis. The last name is spelled v-
14 o-n R-e-i-s. I used to be substantially involved in
15 power production and conservation and other issues,
16 and now I'm happy to just watch. But I do have a
17 few thoughts that I wanted to express. I became
18 aware of this only very recently. I haven't had a
19 chance to completely read the plan yet, the draft
20 plan, and I apologize for anything that's sort of
21 superfluous.

22 But in regard to energy transmission, I
23 think the plan should advocate a strenuous effort to
24 thoroughly modernize and harden the transmission
25 system, both within the northwest and in the tie

1 lines like down to California. You need to
2 modernize to significantly reduce energy losses and
3 probably address directly the likelihood of federal
4 or other funding for this and harden it to reduce
5 vulnerability to attack or upset. That's number
6 one.

7 Number two, and this is sort of reflecting
8 the remarks from the gentleman who spoke a moment
9 ago, there is history and configuration in this
10 particular region around Hanford and Umatilla of
11 pressure for increased generation capacity from gas
12 and nuclear. And if I understand what I've read in
13 the plan correctly, you're saying that this is
14 largely unnecessary.

15 It's a significant issue around here, and
16 the final plan needs to be very clear on, I think,
17 the extent to which added generating capacity from
18 conventional sources, including nuclear, is or is
19 not necessary. I think there needs to be a lot of
20 clarity on that point.

21 Third, again, a certain amount of what I'm
22 concerned about is clarity here. You need to
23 clearly define the uncertainty associated with
24 future storage of energy produced from renewable
25 sources and address the range of consequences that

1 are dependent on how storage capacity develops and
2 is used. And the likelihood or unlikelihood of
3 success with renewables, to a great extent it's
4 going to depend on storage, and I don't think -- I
5 don't think it's clear, but I think the plan needs
6 to be clear on the range of issues that flow from
7 that.

8 Two more points. One is that there are a
9 lot of issues that are, let's say, political,
10 cultural or generally economic as opposed to
11 specific power production that pertain to some --
12 pertain to the decision making on specific issues.

13 For example, the argument over the removal
14 of the Snake River dams. And it would be good if
15 the plan laid out as clearly as possible the nature
16 of the non-power generation, non-energy efficiency
17 issues that are associated with some of these items
18 that are going to have to be addressed in the
19 future.

20 Last is that I, for what it's worth,
21 endorse the NW Energy Coalition's remarks regarding
22 addressing peak demand. I think finding ways to
23 flatten the demand curve is very likely preferable
24 to building capacity that is going to be rarely
25 needed, and I agree with what was said on that

1 point.

2 Thank you.

3 **MR. KARIER:** Thank you, John.

4 Anyone else in the audience who's moved to
5 speak, come on up. Have a seat.

6 **MR. BROWN:** Am I on the list? I thought I
7 was on the list.

8 **MR. KARIER:** You --

9 **MR. BROWN:** Did you go away from the list?

10 **MR. KARIER:** Well, there's both a sign up
11 and then you needed to check in the margin.

12 **MR. BROWN:** Oh, I didn't do that.

13 **MR. KARIER:** We made it difficult for
14 people by --

15 **MR. BROWN:** I'm sorry.

16 My name is Craig Brown. I'm from
17 Richland. I represent myself, and I'd just like to
18 say a couple of things.

19 I think it's a good plan. There's no
20 question that the quality of life in the U.S. is and
21 has been directly tied to harnessing inexpensive,
22 abundant electricity. That's why America is
23 America, because of that. So the goal of the power
24 plan should be to continue to provide least
25 expensive, plentiful, on-demand electricity to the

1 northwest, and I have six points. And they're all
2 on here with some other information.

3 But, number one, promote energy
4 efficiency. It's already in the plan. Great idea.

5 Number two, look into demand response.
6 That's in the plan. That should not be a substitute
7 for on-demand electricity, but I think the two are
8 not mutually exclusive. So I think that's okay.
9 It's a good thing to look at.

10 Number three, maintain existing natural
11 power gas -- gas power plants. That's in the plan.
12 Also, I would say, too, don't phase out coal-fired
13 plants without considering technology for CO₂
14 sequestration. And I give a reference there.
15 There's a couple of, I think, credible professors
16 that say that they can -- there's a way of doing it
17 and adding only one to two cents per kilowatt hour
18 to the cost of coal and be able to sequester most of
19 the CO₂. And I give a reference in there.

20 Number four, add additional capacity by
21 building nuclear power plants and not gas-fired
22 plants. The reason for that, for example, the third
23 generation thousand-megawatt nuke plants are safe,
24 cheaper than wind and solar, have a tiny
25 environmental footprint or they give out very little

1 CO2 emissions, are very high capacity factor,
2 reliable, relatively low fuel costs, reduced power
3 system operational challenges.

4 And these will help reduce the uncertainty
5 in fuel costs going forward. If you double the fuel
6 costs of a nuke plant, the electricity costs go up
7 10 percent. If you double the cost of natural gas,
8 it will just about double the cost of your
9 electricity, and natural gas has had a tendency to
10 make abrupt changes. If something happens to
11 fracking, the price could jump very quickly.

12 Number five, promote wind and solar as
13 they are. They're alternative power sources that
14 will not be inexpensive. It will cost two to three
15 times more than, for example, a nuke or a coal
16 plant. Obviously, it won't be plentiful. They have
17 very low availability, particularly at night, and
18 they will not be on demand.

19 If you put to a vote, I believe, to people
20 who would prefer to have more windmills than, for
21 example, another thousand-megawatt nuke plant -- for
22 example, Nine Canyon Wind, I think it has 63
23 windmills out there now. And in order to provide
24 the same amount of electricity as the Columbia
25 generating station, you'd have to add 2,800

1 additional windmills. It's a shame to pepper one of
2 the most scenic gorges in the U.S. with windmills
3 that kill multitudes of birds, bats and bees.

4 And in addition to that, if you were going
5 to put solar -- if you're going to go to
6 photovoltaic solar, you would have to cover an area
7 half the size of the Tri-Cities with those solar
8 panels in order to get the same amount of power from
9 the Columbia -- for example, something like the
10 Columbia generating station. So would we rather
11 have 2,800 more windmills or another nuclear power
12 plant? And who wants that?

13 And lastly, do not -- do no more than is
14 necessary to meet minimum federal EPA standards
15 relative to CO2 emissions. Appendix M talks about
16 the impact of climate change and the importance of
17 the plan to address that, and I understand, you
18 know, this is not a debate on climate change and
19 obviously you have to meet federal EPA standards for
20 now CO2 emissions, et cetera, but I think there's
21 great risk in assuming that those models that are
22 used -- there's great uncertainty and great risk in
23 using those models to project what's going to be
24 happening out 10 or 20 or 30 years. They're not
25 well benchmarked and there's high uncertainties in

1 that. And I have some comments on there about
2 Appendix M.

3 Just let me say that the goal, if we --
4 the goal is to cut CO2 in the atmosphere, let's see,
5 in half by 2035, okay, if -- cutting U.S. emissions
6 in half by 2035, I think that's what the goal is.
7 Recognizing that the U.S. accounts for about 20
8 percent of what's being put up in the atmosphere,
9 and if we cut it in half by 2035 or in 20 years, the
10 rate of increase right now is 2 ppm per year, that
11 means by 2035, you'll only reduce the amount of CO2
12 in the atmosphere 4 ppm. That's it, 4 ppm.

13 So if you're at 400-something and you
14 implement this plan of the United States, it will
15 only make a 4 ppm difference. That means that
16 you're going to have the same ppm in 2035 in the
17 atmosphere as you would have two years earlier if we
18 did nothing about CO2. So to think that in cutting
19 the CO2 we're going to see changes in 2035 and
20 beyond in the weather in the northwest is wishful
21 thinking, if you just look at the numbers. And I've
22 included that.

23 So, again, I appreciate the opportunity to
24 say a few words, and everything I've said is in
25 there, and thank you.

1 **MR. KARIER:** Okay. Thanks, Craig.

2 Anyone else? I think what blew up was my
3 microphone. Would anyone else like to testify?

4 Okay. Well, with that, I have a few
5 closing comments, but first I want to let Bill or
6 Phil give any comments that they have.

7 **MR. BRADBURY:** Well, just that I
8 personally really appreciate hearing from folks
9 around the region about what their concerns are
10 relating to developing our needed electricity, and I
11 particularly like to hear that there is, appears to
12 be, fairly broad support for conservation and demand
13 response and then finding other sources for what
14 other -- whatever small amount of additional energy
15 we're going to need in the next 20 years. So thank
16 you very much for your testimony tonight.

17 **CHAIR ROCKEFELLER:** And I would second
18 that. It's always helpful to check the substance of
19 what we have come up -- or what our staff has
20 presented against the reality of your experiences
21 collectively.

22 I'm always impressed by the breadth and
23 depth of knowledge in the community at large.
24 Whenever we have a gathering like this, it's quite
25 remarkable to hear so many people come forward who

1 have thought about these issues, lived with them and
2 worked with them for years. And so I know there's
3 more expertise out there than I will ever possess,
4 and so I very much value hearing from each of you.
5 Thank you so much.

6 **MR. KARIER:** Okay. I'd echo that. Thank
7 you all for coming out on a Friday night and talking
8 about power issues in the northwest. They're
9 important to us and, you know, we want to know what
10 you think about the plan and we're always in the
11 market for good ideas. And our staff has a lot of
12 them, but they don't have a monopoly on good ideas.
13 And so we'll be taking that into account.

14 Again, your testimony will be transcribed
15 and it will be available for us to read again later
16 and for other Council members to read and for us to
17 consider as we work towards finalizing the plan,
18 which we expect to be done around March in 2016.

19 The last, final deadline for written
20 comments, I'll remind you, is December 18th. So you
21 want to make sure that if you're planning to do
22 that, get it in by that time.

23 I also want to -- one last thing is just,
24 there's a number of other Council staff in the room.
25 I want you to just raise your hand so they know who

1 you are. And as we break here, if you want to talk
2 to any of them about the Council or have questions,
3 feel free to grab them. Also, feel free to contact
4 any of us. You can find our contact information on
5 nwcouncil.org. If you're from Washington or Oregon,
6 call your Council member if you have questions or
7 concerns.

8 And with that, we're going to close this
9 part of the hearing. What we will do is we're going
10 to leave a smaller group here in case somebody else
11 comes in a little bit later and we don't want to
12 miss their comments. So -- but at this point, we're
13 adjourned. Thank you for coming.

14 **(Whereupon, the Public Hearing was**
15 **concluded at 5:51 p.m.)**


16
17
18
19
20
21
22
23
24
25

1 CERTIFICATE

2
3 I, Donald Polen, do hereby certify that I
4 reported all proceedings adduced in the foregoing matter
5 and that the foregoing transcript pages constitutes a
6 full, true and accurate record of said proceedings to the
7 best of my ability.

8
9 I further certify that I am neither related
10 to counsel or any party to the proceedings nor have any
11 interest in the outcome of the proceedings.

12
13 IN WITNESS HEREOF, I have hereunto set my
14 hand this 25th day of November, 2015.

15
16
17 

18
19 _____
20 Donald Polen
21
22
23
24
25

<p style="text-align: center;"><u> </u> \$</p> <p>\$14 11:11 11:13</p> <p>\$20 13:5</p> <p>\$21 17:9 17:11</p> <p>\$3 10:18</p> <p>\$35 12:25</p> <p>\$40 17:12</p> <p>\$50 10:12</p> <p>\$90 13:6</p> <p style="text-align: center;"><u> </u> 1</p> <p>1,100 20:22 20:25 24:2</p> <p>1,200 11:13</p> <p>1,300 24:3</p> <p>1,400 13:11 17:17</p> <p>1,500 9:20</p> <p>10 5:12 5:14 6:4 11:5 12:3 12:6 31:7 32:24</p> <p>10,000 7:23</p> <p>12 12:14 13:5</p> <p>13 3:3</p> <p>15 11:6</p> <p>18th 4:8 35:20</p> <p>19.5 24:22</p> <p>1981 20:6</p> <p style="text-align: center;"><u> </u> 2</p>	<p>2 33:10</p> <p>2,800 31:25 32:11</p> <p>20 6:21 9:1 9:9 13:7 23:10 32:24 33:7 33:9 34:15</p> <p>20,000 9:3 9:3 9:4</p> <p>2000 11:18</p> <p>2010 17:9</p> <p>2012 11:18</p> <p>2014 18:8</p> <p>2015 3:3</p> <p>2016 7:13 9:4 35:18</p> <p>2020 25:7</p> <p>2021 13:12</p> <p>2025 14:15</p> <p>2026 7:15</p> <p>2030 11:6 11:6</p> <p>2035 7:13 9:12 11:4 11:19 13:12 33:5 33:6 33:9 33:11 33:16 33:19</p> <p>204 16:20</p> <p>20-plus 10:1</p> <p>20th 4:6</p> <p>29 13:1</p> <p style="text-align: center;"><u> </u> 3</p>	<p>30 9:1 23:10 32:24</p> <p>34 12:6 13:1</p> <p>35 12:9 15:19</p> <p style="text-align: center;"><u> </u> 4</p> <p>4 33:12 33:12 33:15</p> <p>4,500 7:13 7:21 9:10 9:20 11:12 12:8 13:12</p> <p>40 23:10</p> <p>400-something 33:13</p> <p>430 16:21</p> <p>45 11:24</p> <p style="text-align: center;"><u> </u> 5</p> <p>5,600 25:8</p> <p>5:03 3:4</p> <p>5:51 36:15</p> <p>50,000 16:19</p> <p>55 11:18 12:14</p> <p style="text-align: center;"><u> </u> 6</p> <p>6,000 9:18 9:21</p> <p>60 16:22</p> <p>63 31:22</p> <p style="text-align: center;"><u> </u> 7</p> <p>700 20:21 20:25</p>	<p style="text-align: center;"><u> </u> 8</p> <p>8 12:14</p> <p>80 12:15 12:21</p> <p style="text-align: center;"><u> </u> 9</p> <p>90th 20:22</p> <p>99 24:21</p> <p style="text-align: center;"><u> </u> A</p> <p>able 5:18 30:18</p> <p>abrupt 31:10</p> <p>abundant 25:1 29:22</p> <p>accepting 4:7</p> <p>access 7:11</p> <p>account 9:23 35:13</p> <p>accounts 33:7</p> <p>acknowledge 18:24</p> <p>acknowledgeme nt 24:25</p> <p>across 16:9</p> <p>Act 3:25</p> <p>actually 3:20 11:3</p> <p>adaptive 15:3</p> <p>add 5:12 9:20 10:10 30:20 31:25</p> <p>added 27:17</p> <p>adding 12:1 30:17</p>
--	---	---	--

addition 32:4	am 23:25 29:6	appropriate	avoided 17:12
additional	America 29:22	18:2	aware 26:18
14:20 30:20	29:23	area 32:6	awareness
32:1 34:14	amount 7:10	aren't 4:21	25:2
address	10:13 10:14	8:24	away 29:9
23:7	10:15 10:20	argument	axis 7:10
23:10	13:3	28:13	
27:3	27:21 31:24	arise 23:4	<hr/>
27:25 32:17	32:8	assessment	B
addressed	33:11 34:14	15:5	<hr/>
28:18	analytical	associated	backbone
addressing	21:21	13:23 14:23	19:16
21:21 28:22	analyzed 22:3	27:23 28:17	bad 13:17
adequacy	announced	assumes 10:3	Bartram
14:22	11:21	assuming 12:7	16:5 16:7
adjourned	annual 7:10	32:21	16:8
36:13	answer 9:22	assumptions	base 13:6
administrativ	10:19	18:6	based 18:7
e 4:18	anybody 26:5	assure 26:2	basically
advanced	anyone 6:9	atmosphere	10:13 10:19
24:25	29:4 34:2	33:4 33:8	bats 32:3
advocate	34:3	33:12 33:17	bear 3:20
26:23	anything 10:6	attack 27:5	became 26:17
afford 21:7	26:20	audience 26:6	become 23:8
afternoon	anytime 25:10	29:4	23:13
25:22	apologize	availability	bees 32:3
against 34:20	26:20	31:17	begin 5:1
ago 27:9	appears 34:11	available	believe
allows 21:16	Appendix	35:15	18:8
already 11:21	32:15 33:2	average	20:22 31:19
15:16 21:15	applaud 20:18	7:13 7:15	benchmarked
30:4	23:19	7:21 9:6	32:25
alternative	appliance	9:11 9:20	benefit 19:1
13:19 31:13	21:8	10:17 11:16	benefits
alternatives	appreciate	13:11 16:20	14:21 21:6
14:25	16:16 25:16	17:17	Benton 16:8
	33:23 34:8	avoid 14:20	16:19 16:22
			17:7 17:9

17:22	budgets 18:1	10:10 10:22	check 29:11
best 12:12	build 12:8	12:7	34:18
22:21	13:14 23:16	12:12 36:10	Cities 3:14
beyond 10:4	building	ceiling 20:12	clarity 27:20
14:15 33:20	11:25	cell 15:15	27:22
Bill 3:9 34:5	23:9	15:16	clear 15:12
billion 11:11	28:24 30:21	Centralia	24:16 27:16
11:13 12:25	bulk 9:10	11:22 12:8	28:5 28:6
13:5 13:6	buy 21:7	cents 30:17	clearly 27:23
bills 21:5	buying 10:25	CEO 24:5	28:15
birds 32:3	bypassed 8:13	certain 27:21	climate
bit 7:24	<hr/>	certainly	25:4
16:18	<hr/>	16:23 18:23	32:16 32:18
19:7	C	22:15 22:16	close 12:8
23:15 36:11	California	24:16 24:23	36:8
blew 34:2	13:21 27:1	cetera 32:20	closing 19:10
blow 8:19	Canyon 31:22	Chad 16:5	34:5
Boardman	cap 10:6	16:6 16:8	club 15:21
11:22 12:7	capacity	19:19	CO@ 30:13
Bonneville	7:8 7:20	Chair 3:12	CO2 17:2
6:22	8:1 8:1	23:23 34:17	18:14 18:18
bore 20:6	8:18	challenge	30:19
bottom 12:13	13:14 13:22	23:7	31:1
Bradbury	14:1	challenges	32:15 32:20
3:9 23:24	19:13 21:21	31:3	33:4
34:7	23:2 23:3	chance 26:19	33:11 33:18
breadth 34:22	25:8	change 10:6	33:19
break 36:1	27:11 27:17	32:16 32:18	coal 11:20
brief 6:14	28:1	changes 17:25	12:2 13:3
broad 34:12	28:24 30:20	31:10 33:19	14:9
Brown 29:6	31:1	chart 11:16	30:18 31:15
29:9	carbon 10:4	charts 7:9	coal-fired
29:12 29:15	10:10 10:11	14:15	30:12
29:16	11:15 11:17	cheap 11:1	coalition
BTU 10:18	12:10 12:13	11:8 13:14	19:25
	14:11 19:13	cheaper 30:24	20:1 20:3
	22:8 22:8		21:14
	24:10 24:15		Coalition's
	24:18		
	case 7:6 10:2		

28:21	13:22	30:13	cost-
cold 8:20	completed	consistently	effective
13:17	25:7	17:4	24:9
collectively	completely	constraints	costly 11:9
34:21	26:19	18:1	19:4
Columbia	component	consumer	costs 10:11
19:12 31:24	18:25	22:11	13:5
32:9 32:10	computing	consumers	16:22
combined	21:20 22:18	20:14 21:4	22:4 22:5
24:12 25:12	concept 6:24	contact	31:2 31:5
comes 7:15	concerned	36:3 36:4	31:6 31:6
13:10 23:15	27:22	context 16:18	Council 3:8
36:11	concerns 34:9	continue	3:10 3:14
coming 7:16	36:7	29:24	3:23 4:1
8:11 8:15	concluded	continues	4:3 4:5 4:7
9:19 35:7	36:15	24:14	4:9 4:20
36:13	concludes	control 10:4	4:23 5:15
comment 4:6	19:17	controllable	15:4
4:8 4:12	conditions	25:1	16:12
5:23 6:10	13:17	conventional	19:5
25:18	configuration	27:18	20:16 21:18
comments 4:10	27:9	copious 20:9	21:18 21:18
4:16 4:17	consequences	core 6:24	21:19 22:20
4:22 5:13	27:25	correct 16:3	23:6
5:14 5:22	conservation	correctly	23:20 25:17
6:11 6:15	3:8 3:23	27:13	35:16 35:24
6:16	4:1 9:24	cost 10:10	36:2 36:6
16:25	10:25 10:25	11:11 11:14	Councilman
18:5 20:9	11:8	12:23 12:25	23:24 23:24
33:1 34:5	17:20 26:15	14:12 14:22	Council's
34:6	34:12	18:19 21:25	3:24 4:18
35:20 36:12	consider	22:1 22:3	5:16 5:21
commit 21:20	20:12 21:25	22:5 22:8	24:10
communication	35:17	22:11 22:24	counterintuit
s 19:24	considered	24:17 30:18	ive 19:7
20:1	4:20	31:7 31:8	country 8:22
community	considering	31:14	couple
34:23			21:22 22:15
competing			23:5 23:5
			29:18 30:15

court 5:3	deadline 35:19	10:14 10:15	25:23
cover 32:6	deal 24:7	10:20 11:14	double 31:5
Craig 29:16 34:1	debate 32:18	13:13 13:25	31:7 31:8
creates 20:16	decade 12:19	14:14 14:16	dozen 22:14
creating 20:14	December 4:8 35:20	14:17	draft 4:5 4:8
credible 30:15	decision 6:23 28:12	develops 28:1	4:10 4:12
critical 22:22	decrease 24:18	difference 33:15	20:20 21:25
cue 8:3	deeply 20:3	different 23:15	24:6
cultural 28:10	define 27:23	difficult 15:24 29:13	24:24 26:19
current 18:8	demand 7:6 8:4 13:13	dioxide 11:17	drafts 20:20
curtailment 8:4	20:18 24:13	dioxide-	drinking 15:21
curve 28:23	25:14 28:22	free 19:13	drop 12:5
customer 8:7 16:20 18:1	28:23	direct 5:20	due 17:25
customers 16:19 17:23	30:5	direction 14:3	during 8:5 20:8
cut 33:4 33:9	31:18 34:12	directly 27:3 29:21	<hr/> <u>E</u> <hr/>
cutting 33:5 33:18	demands 24:8	director 19:24 20:1	earlier 20:19 33:17
<hr/> <u>D</u> <hr/>	depend 28:4	directs 3:25	easily 5:24
dams 19:16	dependent 28:1	dissimilar 10:21	east 25:6
22:2 22:4	depth 34:23	diverse 24:14	echo 35:6
22:25 28:14	desert 13:20	document 25:18	Eckman 6:4 6:14 15:12
data 22:21	desire 4:16	dollar 20:15 22:12	economic 20:15 28:10
22:23 22:23	detailed 22:19	dollars 10:11	economical 6:20
date 18:21	develop 4:1 6:19 7:12	done 10:1 15:15 23:20 35:18	economically 17:5
days 5:12	developing 9:9 34:10	door 15:19	economy 19:17
5:14 5:18	development 7:21 7:25 9:16	Dora 25:21	effective 24:18
			efficiency 7:5 7:12

7:14 7:22	emission	20:11 20:13	executive
8:2 9:2 9:6	18:18	21:3 21:5	17:3
9:7 9:9	emissions	21:13	exhausts 26:6
9:19 10:9	11:16 12:10	24:1 24:6	existing 10:2
10:14 10:20	17:2	24:8	10:7
11:7	18:14 18:19	24:13 24:14	10:21
11:25	19:4	24:21 24:25	12:4 12:7
12:9	23:18 24:15	25:2 26:3	12:17
13:12 14:25	24:19	26:22	13:2 14:9
17:1 17:3	31:1	27:2	14:10 18:24
17:4 17:8	32:15 32:20	27:24 28:21	22:25 24:12
17:10 17:15	33:5	30:3 34:14	30:10
17:16 20:11	emphasis 21:2	engaged 4:3	expand 14:24
20:13	24:10	enhanced 15:2	expect 35:18
21:4 21:5	employees	environmental	expenditures
21:8	24:2	30:25	16:23
24:12 28:16	encourage	EPA 10:5	expensive
30:4	13:24 19:5	32:14 32:19	17:5 29:25
effort 4:4	encouraging	establishing	experiences
26:23	13:13	17:19	34:20
efforts	endangered	et 32:20	expertise
12:3	22:14	evening 3:6	21:21 35:3
16:15 16:16	endorse 28:21	3:12 4:16	express 16:11
Eighth 23:21	energy 7:5	4:25	26:17
electric 4:1	7:7 7:10	15:25	extent
electricity	7:12 7:14	16:7 19:20	27:17 28:3
21:4	7:22 8:1	event 5:9	extremely
24:23 29:22	8:1 8:5 9:6	5:10	8:19
29:25	9:7 9:9	everything	
30:7 31:6	9:18 10:8	33:24	
31:9	10:13 10:20	example 28:13	F
31:24 34:10	11:7	30:22 31:15	facility
elements 6:25	11:25	31:21 31:22	24:21
else 6:9 26:6	12:9	32:9	fact 21:14
29:4 34:2	13:12 14:25	exceeding	factor 31:1
34:3 36:10	17:1 17:3	11:3	fair 21:3
elsewhere	17:4 17:8	exclusive	fairly 34:12
8:22	17:10 17:15	30:8	fake 15:7
emerge 12:19	17:16 19:13		
	19:25 19:25		

fall 18:7	31:12	31:2 31:5	27:17 31:25
families 26:2	five-year 4:3	31:5	32:10
fantastic 21:20	flatten 28:23	full 5:7	generation 13:3
fast 8:13 8:16	flexibility 19:14	fundamental 6:23	14:20 18:25
federal 9:15 9:16 19:12 27:3 32:14 32:19	floor 15:10 20:12	funding 27:4	24:4
feedback 16:16 25:25	flow 28:6	future 7:1 19:2 24:8 24:14 27:24 28:19	25:10 25:14 27:11 28:16 30:23
feel 36:3 36:3	Flying 15:20	<hr/> G <hr/>	gentleman 23:25 27:8
Fifth 21:12	focus 20:18	gas 7:14 8:10 10:17 10:22 13:4 14:7 14:8 14:9 14:10 14:14 14:16 14:16 17:2 18:3 18:6 18:9 23:16 24:12 25:3 25:5 25:12 27:11 30:11 30:11 31:7 31:9	geothermal 14:4 15:2
figure 15:8 22:11	focused 18:22		gets 12:9
final 20:24 27:16 35:19	folks 6:15 8:14 34:8		getting 21:3
finalize 26:1	footprint 30:25		gigawatts 9:3
finalizing 35:17	forecast 7:1		giving 25:24
finally 14:24 18:13 23:2	forecasts 18:9		goal 14:6 20:20 29:23 33:3 33:4 33:6
finding 7:4 14:2 18:16 19:6 19:8 28:22 34:13	forget 19:15		goals 20:11 23:18
first 6:17 11:5 11:6 14:14 16:3 16:6 17:2 21:23 34:5	formed 20:5		gone 6:8
five 4:2 7:2 25:6	forward 7:8 7:21 10:19 14:14 15:25 21:19 23:20 24:19 31:5 34:25	gas- emitting 15:1	gorges 32:2
	fossil 23:9	gas-fired 30:21	grab 36:3
	fracking 31:11	gathering 34:24	grand 19:14
	fraction 22:8	general 16:8 24:15	great 14:1 24:7 25:12 28:3 30:4 32:21 32:22 32:22
	free 6:9 24:15 36:3 36:3	generally 28:10	green 7:11 9:15
	Friday 3:3 35:7	generate 24:22	grid 22:8
	fuel 25:2	generating	group 15:19

36:10	36:9 36:14		improvement
growth 8:25	hearings 3:18	I	12:15 12:22
9:1 9:7	4:9	I'd 29:17	improvements
9:11 9:11	held 3:2 3:22	35:6	23:21
9:23 10:8	Hello 8:14	Idaho 22:16	include
11:3 11:7	19:22	idea 30:4	6:25 21:17
guidance 6:22	help 23:17	ideas 35:11	included
guys 25:24	31:4	35:12	5:8 33:22
26:1 26:1	helpful 34:18	identical	includes 12:5
	het 20:2	10:15	including
H	Hi 16:6 19:23	I'll 5:10	5:15 27:18
half 15:4	high 21:7	6:17	increase
32:7 33:5	25:3 25:4	15:17 23:14	33:10
33:6 33:9	31:1 32:25	35:20	increased
hand 35:25	higher 18:8	I'm 3:7 3:7	27:11
Hanford 27:10	highest 18:19	3:19	increasing
happens	highlights	15:25	18:17
23:4 31:10	6:2	16:8 19:6	19:2 24:16
happy 26:16	history	19:23 19:24	incremental
hard 25:16	17:7 27:9	20:6	12:25 13:5
harden	hold 4:9	26:16 27:21	incrementally
26:24 27:4	25:12	29:15 29:16	25:13
hard-to-reach	holding 16:12	34:22	indicated
21:2	hope 21:19	immune 25:3	18:15
harnessing	22:25	impact 9:17	industrial
29:21	hoping 22:20	32:16	8:8
haven't 15:15	horizontal	implement	inefficient
26:18	7:11	33:14	13:4
hear 15:24	hour 30:17	implementatio	inexpensive
16:3 20:8	hours 9:3	n 17:24	29:21 31:14
34:11 34:25	23:5	importance	influence
heard 18:4	hydro 24:3	32:16	16:24
20:7	hydroelectric	important	information
hearing 3:1	19:11 19:16	35:9	5:19
3:15 3:22		importantly	18:11
4:13 6:1		4:19	24:1 30:2
15:18		impressed	36:4
34:8 35:4		34:22	

input 18:10	jobs 20:16	largely 7:17 27:14	27:3 28:2
inputs 18:7 18:11	John 26:13 29:3	larger 17:14	likely 28:23
instead 15:7 23:12	juice 9:4	last 15:18 17:13 21:13 23:14 26:13 28:20 35:19 35:23	limit 10:22
instructions 3:19	jump 31:11	lastly 32:13	limited 14:13
intend 4:24	<hr/> K <hr/> K-4-a-s 19:23	later 35:15 36:11	line 10:8 11:2
introduce 26:11	Karier 3:6 3:7 3:13 15:11 15:13 15:24 19:19 23:22 23:24 25:20 26:5 26:10 29:3 29:8 29:10 29:13 34:1 35:6	latest 4:3	lines 27:1
invented 15:8		Laughter 15:23	link 5:23
invested 17:9		leading 16:14	list 26:6 29:6 29:7 29:9
investment 13:6 17:11		learn 15:17	little 6:17 7:24 9:2 16:18 19:7 23:15 30:25 36:11
investments 17:20 18:24		least 17:5 17:5 19:4 29:24	lived 35:1
involved 20:4 26:14	Kennewick 16:9	leave 4:15 5:11 36:10	load 8:25 9:1 9:7 9:11 9:11 9:23 10:8 11:2 11:7 16:21
Irish 15:20	key 18:9 18:16 19:5 19:8	leftover 21:22	loads 9:8 9:17 16:20
issuance 16:14	kill 32:3	less 11:2 11:9 11:13	located 16:9
issue 23:2 23:3 27:15	kilowatt 30:17	let's 8:12 15:9 15:14 23:12 28:9 33:4	long 10:12 17:7
issues 21:22 26:15 28:6 28:9 28:12 28:17 35:1 35:8	knowledge 34:23	letting 23:8 23:13	losses 27:2
items 28:17	Krasnowsky 19:20 19:22 19:23	level 21:11	lot 9:14 14:18 20:7 27:19 28:9 35:11
I've 21:17 27:12 33:21 33:24	<hr/> L <hr/> ladies 23:25	liability 13:23	low 10:17 10:22 31:2 31:17
<hr/> J <hr/> job 21:16 22:19	laid 28:15	life 29:20	
	large 17:23 25:10 34:23	likelihood	

low-cost 19:13	12:19 18:2	12:10 12:14	month 22:13
lower 10:24 22:2	maybe 19:6	Michael 23:25	Morfin 25:21 25:23
lowest 14:12	means 24:18 33:11 33:15	microphone 34:3	M-o-r-f-i-n 25:23
low-income 21:2 26:2	meet 7:1 7:7 7:17 7:25 11:7 20:19 32:14 32:19	midterm 15:5	MORFIN 25:22
lumpy 17:21	meeting 9:10 9:11 14:21 18:5 24:8	Mike 23:22 24:1 25:20	move 18:4
<hr/> M <hr/>	meetings 16:12	million 10:18 10:18 11:18 11:24 12:3 12:6 12:6 12:10 12:14 17:10 17:11 17:12	moved 29:4
main 21:10	megawatt 9:3	mind 19:14	moves 14:2
maintain 30:10	megawatts 7:13 7:22 7:23 9:4 9:10 9:18 9:20 11:12 11:13 12:9 13:11 16:20 16:21 17:17 20:21 20:25 24:3 25:8	minimum 32:14	multitudes 32:3
maintaining 22:3 22:25	member 3:7 3:9 3:11 21:13 36:6	minutes 6:4	mutually 30:8
major 6:25	members 21:18 35:16	miss 36:12	myself 29:17
management 15:3	met 21:17	mix 22:6 24:14	<hr/> N <hr/>
manager 16:8	meter 22:11 22:12	modeling 21:20	nation's 24:22 25:1
manner 24:9	metric 10:12 10:18 11:18 11:24 12:3 12:6	models 32:21 32:23	natural 7:14 8:10 13:4 14:7 14:8 14:9 14:10 14:13 17:1 18:3 18:6 18:9 23:16 24:12 25:3 25:5 25:12 30:10 31:7 31:9
Marc 19:20 19:21 19:23 23:22		modernize 26:24 27:2	nature 28:15
M-a-r-c 19:23		modular 12:20 24:24 25:11	necessary 27:19 32:14
March 35:18		moment 27:8	net 9:1 9:22 10:8 11:2
margin 29:11		money 20:14	Nevada 11:23
Mark 24:5		monitor 20:5	night 15:18 23:14 31:17
market 11:1 11:9 13:20 13:21 22:7 35:11		monopoly 35:12	
materialized 15:7		Montana's 7:18	
matter 5:17			
maximum 12:13			
may 4:15 5:22			

35:7	25:6 25:9	opportunity	paper 21:24
Nine 31:22	25:10 27:12	25:18 25:24	particular
non-carbon-	27:18 30:21	33:23	6:22
emitting	32:11	opposed 17:19	11:10 13:18
12:21	nuke 30:23	28:10	27:10
14:3 14:5	31:6	oral 4:10	particularly
non-energy	31:15 31:21	5:15	14:8
28:16	NW 19:25	order 4:25	18:16 31:17
non-	21:13 28:21	7:23	34:11
greenhouse	N-W 19:25	31:23 32:8	past 7:5
15:1	nwcouncil.org	Oregon 3:9	pay 21:4
non-power	5:22 36:5	7:18	paying
28:16	_____	11:22 36:5	11:13 22:7
North 11:22	0	organization	payoff 13:8
northwest 3:8	_____	5:3 16:5	peak 7:22 8:1
3:23 3:24	obviously	ought 23:6	8:5 8:23
3:25 4:11	31:16 32:19	23:6	8:23
6:21	October 4:5	outdated	16:21
11:17 16:15	officer 24:1	22:24	23:3 28:22
19:16	official 3:17	output 14:4	people 6:7
24:2 24:6	5:8 5:11	outreach	6:8 15:19
25:11 26:25	offsets 7:23	16:13	15:25 21:17
30:1	Oh 29:12	outside 4:14	29:14 31:19
33:20 35:8	okay 15:11	overcome 23:7	34:25
Northwest's	26:9 30:8	overview 6:2	pepper 32:1
24:13	33:5 34:1	owner-	per 22:11
note 17:15	34:4 35:6	operator	22:11 30:17
20:19	o-n 26:14	24:20	33:10
noteworthy	on-demand	_____	percent 12:15
18:16	29:25 30:7	P	12:22 16:22
nothing 33:18	online 9:19	_____	24:22
NOVEMBER 3:3	25:7	p.m 3:4 36:15	31:7 33:8
n-o-w-s-k-y	open 5:11	pace 25:8	percentile
19:24	opening 5:25	panels 32:8	20:22
nuclear	operational	P-a-o-l 23:25	perhaps 22:15
24:3	31:3	Paoli 23:22	period 5:12
24:21 24:25	opportunities	23:23 23:25	8:24 20:17
25:1 25:2	9:14		

periods 8:5	28:15 29:19	18:21 25:4	31:2
personal	29:24	policymakers	31:13
21:11	30:4 30:6	19:8	32:8
personally	30:11 32:17	political	32:11 35:8
34:8	33:14 35:10	28:9	ppm 33:10
pertain 28:11	planned 18:25	politically	33:12 33:12
28:12	planning	13:9	33:15 33:16
phase 30:12	17:24 35:21	pollution	prefer 31:20
Phil 3:10	plans 7:5	20:14	preferable
34:6	20:5	portfolio	28:23
phones	plant 31:6	7:18	presentation
15:15 15:16	31:16 31:21	12:24 18:14	6:2 18:15
photovoltaic	32:12	18:17 18:23	presented
32:6	plants	19:1 19:3	34:20
placed 4:18	11:20	24:17	presently
plan 3:15	12:2 13:3	possess 35:3	14:1
3:24 4:2	13:4 14:9	possible 5:16	pressure
4:2 4:4 4:5	14:10 23:16	18:12 28:15	27:11
4:8 4:10	30:11 30:13	post-2025	pretty 9:5
4:13 4:19	30:21 30:22	7:16	10:15
5:20 6:1	30:23	posted 5:16	11:1 22:13
6:3 6:18	please 4:13	potential	price 11:1
6:19 6:25	5:1	24:23	18:6 31:11
7:1 7:4	pleased	25:4 25:13	prices
7:25 9:14	21:1 24:6	power 3:8	10:17 10:23
9:19 9:22	plentiful	3:15 3:23	17:2 18:3
9:22	29:25 31:16	3:24 3:25	18:9 25:3
16:14	point 17:14	4:2 4:4 4:8	25:5
17:1 17:3	17:16 17:19	4:19 5:20	primary 16:25
17:16 18:10	27:20	6:18 6:20	principally
18:17 19:10	29:1 36:12	11:17 12:11	14:8 24:11
20:4 20:5	points	13:7	principle
20:24 21:11	21:10	16:21 17:12	6:18 7:6
21:22 23:21	28:8 30:1	19:12 21:11	7:24 11:10
24:24 25:13	policies 10:7	22:1 22:2	probability
26:2	policy 10:2	22:4 22:6	14:16
26:19 26:20	10:21	26:15 28:11	probably
26:23 27:13	12:4 12:7	29:23 30:11	5:5 6:3
27:16 28:5		30:11 30:21	

27:3 problem 23:4 23:11 23:11 problematic 13:9 process 7:3 8:8 8:12 16:13 16:23 20:8 produce 7:22 19:4 produced 21:24 27:24 production 26:15 28:11 professors 30:15 programs 21:9 project 17:11 32:23 projects 17:10 17:23 17:25 promote 30:3 31:12 promulgated 10:5 pronunciation 16:4 properly 5:4 proposed 5:19 proved 17:5 provide 6:15 8:18 14:4 29:24 31:23	provided 4:14 5:23 provides 17:16 19:12 providing 8:21 25:7 25:14 public 3:1 3:15 3:22 4:6 4:9 5:14 24:1 25:18 36:14 PUD 16:8 16:19 17:7 17:9 17:22 PUD's 16:22 purchases 17:12 22:7 22:9 purpose 4:14 PV 8:12 <hr/> Q <hr/> quality 29:20 question 29:20 questions 6:11 36:2 36:6 quickly 31:11 quiet 15:25 quite 34:24 quote 13:2 19:10 <hr/> R <hr/>	rain 13:16 raise 35:25 range 17:19 18:2 20:25 27:25 28:6 rarely 28:24 rate 33:10 rather 5:18 6:15 20:12 22:22 23:8 32:10 rationale 23:8 23:13 reaching 24:10 reactors 12:20 24:24 25:6 25:11 real 15:6 23:11 reality 34:20 really 13:17 16:16 22:19 22:23 34:8 reason 30:22 reasonable 22:14 receive 4:10 21:6 recent 18:11 25:9 recently 26:18 recognized 9:13	recognizing 17:20 33:7 recommend 18:10 19:7 reconvene 15:5 record 5:5 5:8 5:11 recorded 4:17 records 4:18 recovery 21:23 red 9:15 11:2 Reddemann 24:5 reduce 13:3 14:11 24:15 27:2 27:4 31:4 33:11 reduced 31:2 reduces 18:18 reducing 20:14 reduction 12:13 18:20 24:11 reductions 18:19 19:4 23:18 reference 30:14 30:19 reflecting 27:7 reflects 24:7 24:13 refurbishing
--	--	---	---

22:24	14:4 31:2	14:5	32:21 32:22
regard 26:22	remarkable	14:18 14:24	risks 13:23
regarding	34:25	17:6	risky 17:6
28:21	remarks 19:17	18:20 19:1	river 16:9
region	27:8 28:21	resources 7:7	19:12 28:14
14:10 14:19	remind 35:20	7:16 8:11	Rockefeller
14:21 17:17	removal 28:13	12:21 13:15	3:10 3:12
18:22 24:18	renewable	13:24 13:25	23:24 34:17
25:14 27:10	7:15 7:18	14:3 15:1	rollovers
34:9	12:24 13:24	22:19	20:15
regional	13:25 18:13	response	room 35:24
4:1 14:18	18:17 18:23	7:6 8:4	rotation 7:3
region's 24:8	18:25	13:13 20:19	rough 21:25
24:20	19:3	24:13	roughly 12:5
regulations	24:17 27:24	30:5 34:13	roughly 12:5
10:5	renewables	responses	RPS 10:3
reimbursed	12:20	18:22	run 23:17
8:6	14:6 15:1	responsible	running
reinserted	25:12 28:3	24:9	8:24
20:23	renewal 10:14	rest 12:18	15:21 15:22
Reis 26:13	renewals 12:1	result	
R-e-i-s 26:14	replacing	10:13 17:11	S
REIS 26:9	22:2 22:6	retire	safe 30:23
26:12	reporter 5:4	11:20	salmon 21:23
relate 17:1	represent 5:2	13:1 13:2	save 22:14
related 18:13	16:22 29:17	retired 21:14	saved 20:15
relating	representing	retirement	saving 20:13
34:10	24:2	11:21	savings
relative	requirement	retirements	21:4 26:3
16:25	6:19	12:5 25:9	scale 22:6
17:2 18:3	research 24:7	retiring 12:2	scenario
19:11 32:15	residential	review 4:2	11:11 11:25
relatively	22:12	4:4 4:6	12:1
31:2	resource 6:23	4:19	scenarios
released 4:5	7:1 7:18	revised 4:5	9:25 10:16
reliable 6:20	7:24 8:22	Richland	scenic 32:2
	11:14 13:10	29:17	
		risk 10:10	

seat 16:2 26:10 29:5	signed 5:1 6:9	32:5 32:6 32:7	35:11 35:24
second 34:17	significant 27:15	solutions 23:12	standards 7:19 9:15 9:16 9:17 9:21 10:4 12:24 14:22 18:14 18:18 18:23 19:3 24:17 32:14 32:19
secondary 20:21	significantly 27:2	somebody 36:10	
sectors 21:3	simply 13:1 13:2 13:2	somehow 8:6	
seeking 16:15	single 17:16	someone 23:14	
seems 23:6	situation 11:15	sorry 8:14 29:15	
sell 14:18	six 4:11 17:18 30:1	sort 26:20 27:7	start 11:3
sequester 30:18	Sixth 9:14 9:19 9:22 21:12	source 13:21	started 9:2
sequestration 30:14	size 32:7	sources 27:18 27:25 31:13 34:13	starting 7:14
service 17:8	skip 5:10	southwest 13:20	starts 11:16
seventh 3:15 3:24 7:3 9:22 17:3 20:4 20:24 21:22	slam 19:15	speak 29:5	state 16:2 18:21 19:3 19:9 24:16
several 17:13 17:13	small 12:20 24:24 25:11 34:14	species 22:15	stated 20:20 24:24
shame 32:1	smaller 36:10	specific 5:13 28:11 28:12	statement 3:17 5:7 5:25
share 21:3 26:3	smallest 18:18	specifically 10:24	states 4:11 7:17 17:4 19:11 24:22 25:13 33:14
sheet 4:13	smartest 21:16	spell 5:6	stating 5:2
shifts 14:22	SMRs 15:2	spelled 5:4 19:25 26:13	station 31:25 32:10
shine 8:20	Snake 22:2 28:14	spelling 16:5	statutory 6:19
short 6:1	snow 13:16	Spokane 15:18 18:5	stay 21:15
short-term 23:10 23:11	social 22:7	spoke 27:8	stocks 22:16
showed 14:15	solar 7:16 8:12 8:15 22:7 24:4 30:24 31:12	staff 6:5 6:16 21:17 21:18 24:5 25:17 34:19	stop 15:9
shown 16:13			storage 27:24
shows 9:16			
sign 4:13 6:8 29:10			

28:1 28:4	20:11	term 10:11	8:7
strategy	supposedly	10:12	they're 15:20
13:10 18:20	23:4	terms 12:20	30:1
strenuous	sure 8:6 19:6	14:6	31:13 32:24
26:23	35:21	14:21 20:13	35:8
stress 19:5	surplus 14:19	22:24	third 21:11
19:8	system	territory	23:19 27:21
strictly 22:1	11:17 12:11	17:9	30:22
submit 5:22	13:7	testify	thoroughly
submitted	19:11 19:12	4:24 34:3	26:24
4:22 5:14	19:15	testimony	thoughts
substance	22:1 22:4	3:16 4:21	26:17
34:18	26:25 31:3	5:1 5:13	thousand-
substantially	systems 10:6	5:15 6:6	megawatt
26:14		16:1	30:23 31:21
substitute	T	34:16 35:14	thousands
30:6	table 4:15	thank 19:17	20:16
subtracted	15:12	23:23 23:23	throughout
22:5	tail 8:11	25:19 25:23	16:15
success 28:3	taking 22:1	26:3 26:5	tie 26:25
suggest 17:18	35:13	26:12	tied 29:21
summary	talk 36:1	29:2 29:3	tiny 30:24
6:18 17:4	talking	33:25 34:15	today 12:16
summer 8:23	5:17 35:7	35:5 35:6	12:22 16:1
16:21 18:7	talks 32:15	36:13	Tom 3:7 6:4
sun 8:20	target	thanks	6:13
superfluous	17:17 17:19	15:13 16:11	15:13 18:14
26:21	17:20	19:19 23:22	19:22
supplies 9:6	18:2 20:23	25:20 34:1	ton 10:12
supply 6:20	targeting	thereof 25:4	tonight
25:2	13:11	11:8	3:16 4:17
support 24:13	targets 24:11	13:16 13:19	25:19 34:16
24:23 34:12	technology	29:10 29:19	tons 11:19
supporting	12:17 12:19	30:15 30:16	11:24
17:8	14:2 30:13	32:20 32:22	12:3 12:6
supportive	tendency 31:9	32:25	12:10 12:14
	tens 20:16	35:2 35:24	top 8:10
		thermostat	

11:16	31:4 32:22	visit 5:20	9:20 9:21
Topping 8:3	understand	voluntary 8:4	10:1
total 16:23	18:6	von 26:9	11:25 11:25
toward 24:8	27:12 32:17	26:12 26:13	12:1 12:2
towards 35:17	undoubtedly	vote 31:19	20:10
trade 10:6	21:13	vulnerability	21:1 21:8
transcribed	unit 11:23	27:5	22:20 33:19
35:14	United	<hr/>	34:15 35:10
transmission	24:21 33:14	W	36:8 36:9
26:22 26:24	unlikelihood	<hr/>	36:12
transparent	28:2	Washington	west 3:11
16:13	unlikely	3:7 3:11	we've 6:8
travel 16:15	5:8 5:10	7:17	10:1
tremendous	unnecessary	11:23 36:5	whatever
20:13	27:14	watch 26:16	34:14
Tri 3:13	unpredictable	water 13:15	Whenever
Tri-Cities	17:21	waterway 22:5	34:24
16:10 25:25	update 7:2	wave 14:5	Whereupon
32:7	updated 18:11	15:2	36:14
true 4:22	upset 27:5	ways 13:8	whether 15:8
try 12:24	usually 6:4	28:22	white 21:24
turn 14:9	8:5	weather 13:17	whole 20:7
15:15	utilities 8:6	33:20	wholesale
turns 8:7 8:8	utility 22:6	website	11:1
15:20	<hr/>	5:16 5:21	who's 3:10
<hr/>	V	wedge 7:9	29:4
U	Valmy 11:22	7:12 9:8	wind 7:16
U.S 29:20	12:8	9:15	8:11 8:14
32:2 33:5	value 17:15	weeks 4:11	8:19 24:3
33:7	35:4	5:18	30:24 31:12
Umatilla	various 9:25	welcome 3:6	31:22
27:10	verifiable	3:13 3:22	windmills
uncertainties	22:21	16:6 16:9	31:20 31:23
32:25	vertical 7:10	25:21	32:1 32:2
uncertainty	viable 13:21	we'll 6:5	32:11
27:23		6:14 15:8	winter 7:22
		16:3 35:13	8:1 8:18
		we're 5:17	8:21 8:23

<p>13:22 13:25 23:3 wishful 33:20 work 3:20 21:16 25:16 35:17 workability 22:18 worked 35:2 working 3:14 17:22 works 22:12 world 10:22 15:6 worth 28:20 written 4:7 4:15 4:22 5:7 5:12 20:9 35:19 www. nwcouncil. org 5:21</p> <hr/> <p style="text-align: center;">Y</p> <hr/> <p>yesterday 18:5 yet 26:19 yields 14:11 you'll 23:1 33:11 yourself 26:11 you've 16:12 20:7 21:24</p> <hr/> <p style="text-align: center;">Z</p> <hr/>	<p>zero 9:23 10:11</p>		
--	-----------------------------------	--	--